# In The Matter Of:

*State Environmental Commission -- Appeal of Groundwater Pollution Control, Permit NS2014502, Smith Valley Dairy*

---

*Hearing*
*July 23, 2015*

---

*Capitol Reporters*
*208 N. Curry Street*

*Carson City, Nevada  89703*

To open files, click on the desired file type in bookmark on left.
For quick saving or searching multiple files, click attachments tab (or paperclip) on left.
For best viewing/searching, use Adobe Reader/Acrobat ver. 9 or higher
(www.adobe.com).